

UNITED STATES DEPARTMENT OF AGRICULTURE

+ + + + +

NATIONAL ADVISORY COMMITTEE ON

MEAT AND POULTRY INSPECTION

+ + + + +

PLENARY SESSION

+ + + + +

September 17, 2024, Day 2
10:00 a.m.

Microsoft Teams

Facilitator and Presenter

KATRINA GREEN
Designated Federal Officer
Office of Policy and Program
Development

AARON BECKIEWICZ

JEREMY TODD REED, Under Secretary
Office of Food Safety
United States Department of Agriculture

ANGELICA MARRERO SANCHEZ
Economist and Deputy Director
Policy and Programs Development

SARAH MILCHMAN
Economist
Policy and Program Development at FSIS

Free State Reporting, Inc.
1378 Cape St. Claire Road
Annapolis, MD 21409
(410) 974-0947

MELISSA HAMMER
Director of Regulations Development Staff
Office and Policy and Program Development Staff
at FSIS

COMMITTEE MEMBERS

DR. MARY ANNE AMALARADJOU, Associate Professor
University of Connecticut

SHARON BIRKETT
OSI Group

DR. DIANNA VIOLA BOURASSA
Auburn University

DR. BYRON D. CHAVES
University of Nebraska - Lincoln

DR. VANESSA COFFMAN
Stop Foodborne Illness

DR. JAMES RICHARD DILLON, Director
State Meat Inspection Program for the state of
Texas

SCOTT LEE FILBRANDT

CASEY GALLIMORE
Meat Institute

DR. JAMES H. HOLLIS, Director
South Carolina State Meat Inspection Program

PAUL KUBER
Washington State University

ANASTACIA MARIE LARKIN
Google Foods

PATRICK ROBINETTE
Micro Summit Processors

DR. JAMES ROGERS
Office of Field Operations

Free State Reporting, Inc.
1378 Cape St. Claire Road
Annapolis, MD 21409
(410) 974-0947

DESIREE CLAIRE ANNE WINELAND, Associate
Director
Prevention for the Division of Foodborne,
Waterborne, and Environmental Disease at CDC

DR. BYRON WILLIAMS
Michigan State University

HILARY WHITMAN, Associate Director
Prevention for the Division of Foodborne,
Waterborne, and Environmental Disease at CDC

I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening	3
Ms. Katrina Green	
Plenary Meeting	6
Subcommittee Reports	
Dr. Byron Chaves	7
Vote on Final Report	
Establishing Size Definitions	52
Technologies Impact on Inspection	53
Closing Remarks	
Todd Reed, Chief Operating Officer, FSIS	54

P-R-O-C-E-E-D-I-N-G-S

(10:00 a.m.)

MS. GREEN: Mr. Chavez Elizondo, are you able to use your mic in your camera?

MR. CHAVEZ: Hi. Yes, I'm here.

MS. GREEN: Are you able to use your camera?

MR. CHAVEZ: Hi. Yes, can you see me?

MS. GREEN: I don't have you on the screen. Got you. All right.

MR. CHAVEZ: Thanks.

MS. GREEN: Okay. It is now 10:00 a.m. so we will get started. Great morning to everyone. I am Katrina Green, the NACMPI Designated Federal Officer, and I want to welcome you to day two of the NACMPI committee meeting.

Before we begin, I want to provide a few housekeeping items. For those that joined, the plenary one yesterday, these housekeeping reminders will be familiar. First, I want to remind everyone that this meeting is being recorded, and FSIS will post the recording and transcripts when they become available on the FSIS website at www.fsis.usda.gov.

With the exception of our committee members and the designated speakers, all other attending microphones were automatically muted when you logged

1 in and you will not have the ability to use your
2 camera except if you are making a public comment.
3 There will be one brief comment period today for
4 members of the public that will occur after my opening
5 remarks. If you wish to provide comment, please use
6 the raise hand feature, and you will be unmuted when
7 it is your turn to speak.

8 We request that all attendees please
9 introduce yourself by providing your name and
10 affiliation before providing comment. Each person
11 will be provided two minutes to make their comment
12 today.

13 Lastly, the chat feature is available for
14 attendees. Comments made in the chat will be shared
15 with the committee. In addition, attendees may submit
16 written comments according to the options and
17 directions outlined in the Federal Register Notice
18 announcing this meeting. These comments will also be
19 shared with the committee when they become available.

20 The remainder of today's agenda will include
21 continued concurrent subcommittee discussions from day
22 one, followed by the full committee reconvening for
23 the subcommittees to provide a report of the work from
24 your meetings over the past two days. At the
25 conclusion, we will have closing remarks.

1 We will now move to public comment. Aaron,
2 do we have anyone that has requested to make comment?

3 MR. BECZKIEWICZ: If you want to -- if you
4 would like to make a public comment, please raise your
5 hand and we will work on providing you access to your
6 microphone. And I still -- I do not see anyone with a
7 hand raised requesting to provide public comment at
8 this time.

9 MS. GREEN: Okay, great. Thank you, Aaron.
10 There is no one that has requested to make a comment,
11 so this brings us to the end of our plenary meeting,
12 and we will begin the concurrent subcommittee
13 meetings. The links have been provided again today in
14 the chat to join the meeting for Subcommittee I, which
15 is the Establishment Size Definitions group, and
16 Subcommittee II, the Technologies Impact on Inspection
17 group.

18 To join one of these meetings, you will need
19 to click on the link for the subcommittee group that
20 you want to attend. Again, the links for the
21 subcommittees group I and II are provided in the chat
22 of this meeting, so you will need to click on the link
23 for the subcommittee group that you want to attend in
24 order to be able to join that meeting.

25 We are now adjourned. Excuse me, adjourned

1 from this meeting, and we'll begin the subcommittee
2 meetings at 10:15 a.m. Eastern Standard Time.

3 PLENARY MEETING

4 (2:25 p.m.)

5 MS. GREENE: Okay. It is now 2:25 p.m.
6 Eastern Standard Time and we will now begin with the
7 plenary meeting. Welcome back to the NACMPI plenary
8 meeting. A lot of discussions and work occurred
9 during the subcommittee meetings, and we look forward
10 to hearing the subcommittee reports.

11 We will start by having a subcommittee
12 report from group one, then group two, followed by
13 full committee discussions. Then the committee will
14 vote for adoption of the reports. We will now begin
15 the subcommittee report for Establishment Size
16 Definitions. Dr. Chaves will provide the report for
17 this subcommittee. And now I'll turn it over to Dr.
18 Chaves.

19 DR. CHAVES: Hi. Can everybody hear me?
20 Hello.

21 MS. GREENE: Yes, we can hear you. We can
22 hear you.

23 DR. CHAVES: Okay. So I am going to turn my
24 camera on and I'm going to -- I'm not allowed to share
25 a document just yet. Okay. Let's see. Give me just

1 one moment while I share the document. Okay. There
2 we go. Can everybody see the document okay?

3 MS. GREEN: Yes.

4 DR. CHAVES: Okay. Thank you very much.
5 Well, good afternoon everybody. My name is Byron
6 Chaves, and I will be reporting on behalf of
7 Subcommittee I. And we worked on updating size
8 classifications for official establishments.

9 You can see the members of the committee and
10 the ones that are highlighted in yellow are the ones
11 that participated in this meeting. So thank you very
12 much, Dr. Coffman, Dr. Dillon, for leading the effort
13 for us. Scott, Anastasia, and Patrick for their
14 input.

15 So with that, let's go to question number
16 one. Okay. So question number one was FSIS uses
17 multiple size categories, such as production volume
18 for sampling, half subsize, or firm level employee
19 counts set by the Small Business Administration.

20 Are there any concerns with the use of this
21 approach. And so basically the committee came to the
22 conclusion that yes, that we do have some concerns,
23 and the committee believes that FSIS should continue
24 to use multiple size categories to categorize or
25 characterize establishments

1 However, the current structure is
2 insufficient to accurately group establishments by
3 size. For example, one of the main concerns that we
4 discussed is related to size of the establishment or
5 size based on employee numbers. So an establishment
6 that has ten employees is very different than one that
7 has 499, but they are still grouped in the same
8 category as it is right now.

9 So the committee suggests that FSIS should
10 consider increasing the number of categories to better
11 group similar establishments together. And so with
12 that, that that takes me to question number two, which
13 is where we come up with an alternative. Okay.

14 So in this case, the question is what
15 metrics should FSIS use to define size categories for
16 regulated establishments, such as employee count,
17 production volume, revenues, square footage of the
18 facility, and others. Okay.

19 So in this case, we came up with multiple
20 points that I will discuss. The first one is that the
21 committee believes that FSIS should use the production
22 volume in pounds per year of product produced under
23 inspection and shipped into commerce to define these
24 size categories to use as a metric.

25 So keep this in mind. What we are proposing

1 is pounds per year of product that is produced under
2 inspection by FSIS, and that goes into commerce.
3 Okay. These production totals should be based on the
4 previous year's production of existing -- for existing
5 establishments.

6 And size classification for new
7 establishments should be based on the first 90 days of
8 production and extrapolated to cover the rest of the
9 production year. FSIS should retain the ability to
10 alter this classification if production changes
11 significantly, if production changes significantly
12 from the amount forecasted based on the first 90 days
13 of production.

14 And we came up with these 90 days based upon
15 has the validation for new processes. After the first
16 full year of production, then the establishment size
17 should be determined based on the previous years'
18 production. Okay.

19 The second point that we discussed in this
20 metric, in this new metric that we are proposing, is
21 the possible number of size categories based on
22 production volume as well as potential production
23 volume cut offs for those categories.

24 And so again, we are proposing that this
25 should be based on pounds per year of product produced

1 under inspection and shipped into commerce. So the
2 committee determined that those decisions could not be
3 made until data is obtained regarding annual
4 production volumes at existing establishments.

5 And we speculated quite a bit about what
6 those numbers would look like. But the reality is
7 that without data from FSIS, we can really provide
8 cattle values as suggestions.

9 The committee recommends that FSIS conduct a
10 study of annual production volume in pounds at both
11 federally and state granted establishments. And then
12 that FSIS can then use that data to create the number
13 of -- the number and size of production volume-based
14 categories necessary to group similar establishments
15 more accurately.

16 And so in this case, we recommend that FSIS
17 look not only at federally inspected facilities, but
18 also at state granted establishments, because this can
19 have a better representation of very small facilities
20 that operate in states that have meat and poultry
21 inspection programs. Okay.

22 The committee considered the merits of
23 creating multiple production volume categories in a
24 single establishment based on different prototypes,
25 such as slaughter, raw processing, RT, but decided

1 that this approach would generate confusion.

2 And therefore the committee decided not to
3 recommend this approach. So we are not going to
4 separate volume of production based on different
5 categories of product. That is what we are
6 recommending.

7 The committee further believes that FSIS
8 should create a secondary measure of business size.
9 Okay. So this would be complementary to production
10 volume. This measure should designate whether the
11 establishment is a stand-alone establishment or part
12 of a firm of multiple businesses that share ownership
13 in part or in whole.

14 FSIS should further classify firms to
15 determine if that overall entity is a small firm made
16 up of a few businesses under shared ownership, or a
17 large firm made up of multiple individual
18 establishments based solely in the U.S., or part of a
19 multinational firm.

20 And so we had a lot of discussion about
21 this. And so the whole point here is to identify
22 whether an establishment that is federally inspected
23 is actually small. Right. And so if they belong to a
24 conglomerate, then there are some nuances about that.
25 Okay.

1 FSIS should also take all measures possible
2 to prevent organizations from hiding their involvement
3 in other establishments or firms through strategies
4 such as partial ownership or other efforts to conceal
5 or inaccurately portray ownership by a large firm.

6 Again, we had a lot of discussion about this
7 and is can we, can FSIS actually makes sure that a
8 firm that is classified as small or very small, or
9 however classifications they may come up with at the
10 end of this process, that that firm is a stand alone
11 firm and not part of a larger conglomerate.

12 What are the limitations or advantages of
13 this recommended metric. One advantage of
14 characterizing establishments by production volume is
15 that FSIS already collects production volume data.
16 All right. So this wouldn't be too cumbersome, maybe,
17 on the agency to reclassify.

18 FSIS also has the ability to check this data
19 and verify accuracy by checking business and
20 production records. Additionally, production volume
21 is a more straightforward mechanism to determine
22 establishment size than some of the other methods
23 listed in the prompt above, such as square footage,
24 right, or revenue.

25 One limitation with the committee suggestion

1 above is that creating too many categories may confuse
2 inspection staff, and establishment personnel, and
3 other entities. However, the committee also believes
4 that the production volume and business category, such
5 as individual, small, firm, large domestic firm, large
6 multinational firm, and potentially others, are both
7 important measures to capture so that we can
8 accurately classify facilities for what they are.

9 As such, the committee recommends utilizing
10 two classifications, those being production volume and
11 business category. Okay.

12 Moving on to question number three. How
13 should FSIS account for establishment's ownership when
14 developing size categories. Okay. So this was also a
15 little discussion within the committee. We came up to
16 the conclusion that FSIS should make some effort to
17 ensure that the firms are counted as firms, and
18 individual establishments are counted as such. Okay.
19 Which is basically what I just talked about in
20 question number two.

21 The committee advocates for following the
22 methodology for trade in the responses above.
23 Question here was, should size category supply at the
24 establishment or at the firm level. In this case, the
25 committee recommends that FSIS give all the

1 establishments both a production volume-based size
2 classification and a business classification, as
3 portrayed in the responses above.

4 FSIS should also use those classifications
5 according to their best fit for a given situation.
6 And basically what we mean here, for example, is that
7 production volume size classification is likely to be
8 a better fit for inspection-based decisions in the in-
9 plant environment. Right.

10 This would be on a day-to-day kind of
11 operations. Conversely, if FSIS or any other entities
12 uses size categories to determine courses of action
13 related to business matters, such as eligibility for
14 grants, or contracts, or special assistance, or
15 overtime cost reduction, eligibility, and many others,
16 then the business category would likely be a better
17 indicator to determine the appropriate course of
18 action.

19 And so now, hopefully, everybody else that
20 was not in Subcommittee I can see why we are proposing
21 this combined measure of volume of production and
22 business size or business category.

23 If a granted establishment produces a
24 product that is moved to another granted establishment
25 under the same ownership, then that product should be

1 included in the number of pounds produced per year at
2 each granted established. Right.

3 So having sister companies where a company
4 moves product from one to another would still have to
5 be, I guess, clarified. Right. The product that
6 leaves one facility, even if it goes into a sister
7 facility, should be adequately accounted for. And
8 each pound of inspected product that goes out the door
9 of each granted establishment should be counted.
10 Okay.

11 Another part of question number three, which
12 I'll scroll up so you can see, is to what extent do
13 small or very small establishments owned by a larger
14 firm receive assistance from their parent company or
15 owners. And this is in part, one of the things that
16 really prompted us to come up with that other business
17 category besides production size, or production
18 volume.

19 And so the committee believes that small or
20 very small establishments owned by a larger firm,
21 often receive significant assistance from their parent
22 company. Right. And so if their status is a part of
23 a larger firm, it should be captured by FSIS and used
24 to determine multiple courses of action.

25 Like I said earlier, for grants, technical

1 assistance, and others. Right. And so not only just
2 the volume of production from each one of the
3 facilities. But also, do they belong to a larger
4 conglomerate, and are they getting assistance from
5 their parent company. Okay.

6 Moving on to question number four. This is
7 a short answer. What site standards are commonly used
8 within the industry for defining small and very small.
9 Okay. And so what we came up with is that we looked
10 at other agencies. Right. So think about the Food
11 and Drug Administration, or the Environmental
12 Protection Agency, or the Small Business
13 Administration.

14 And other entities such as commodity boards
15 and trade organizations may use multiple standards to
16 categorize entities that they oversee. But the
17 committee does not really believe that FSIS should
18 consider those standards for categorizing meat and
19 poultry official establishments. Right.

20 The committee would particularly discourage
21 FSIS from using employee counts, revenue, or square
22 footage, to determine establishment size. Again, we
23 are proposing a volume based, volume of production
24 base and a business category.

25 As stated above, the committee believes

1 establishments should be based on this annual
2 production volume in pounds, as well as an accurate
3 characterization of this establishment's business
4 status, as detailed in the answers above. Okay.

5 Let me move on here to number five. And
6 this is a question, number four and number five, we,
7 the committee had to seek clarification from FSIS and
8 so you can see here in number five that we added a
9 little bit of -- a few words to the question.

10 So are there other applications for the
11 current FSIS half sub-sizes outside of FSIS, such as
12 within the industry. And the clarification basically
13 turned this into are the repercussions outside if FSIS
14 establishment size classifications are changed.

15 And so there may be some impact outside of
16 FSIS. Right. Like we've discussed. However, we also
17 think the committee thinks that this would be positive
18 impacts. Again because we are considering not only
19 the volume of production but also that business
20 category that can more accurately portray
21 establishment characteristics.

22 And this would have benefits in terms of
23 adequately assigning technical assistance grants, for
24 example, like we've discussed. Okay. Moving on to
25 question number six. How should FSIS obtain data to

1 determine if the establishment is a small entity under
2 the Small Business Administration's size definition.
3 Okay.

4 And so you guys can see here that that is
5 part of the question, the numbers that you see here
6 came with the question for what is considered small.
7 But we think that FSIS should not be using SBA size
8 definitions to define establishment size, as we are
9 trying to get away from number of employees. Right.

10 One of the concerns that was discussed in
11 the committee is the role of automation. Right. And
12 so we can have a facility with very few employees,
13 that maybe is producing a lot depending on the type of
14 product that they produce. Right.

15 And so there may not be a correlation with
16 revenue, or square footage, or anything else. Right.
17 And so that's what we came up with the concept of
18 volume of production.

19 What would be the impact of using the SBA
20 definitions for other agency functions, such as
21 implementation of regulations. Well, you know, we are
22 recommending to get away from this, from this type of
23 approach and so using the SBA definitions for other
24 agency functions may allow some establishments to
25 farther game this system. Right.

1 So with the combined metric that we are
2 proposing of volume of production and business
3 category or business characteristics, we are really
4 trying to be more categorical about what is the
5 classification for that specific establishment.
6 Right.

7 So do they belong to a conglomerate. Do
8 they, you know, how are they operating in terms of
9 business. And so in this case, we know, and the
10 committee recognizes that there are some companies
11 that historically have kind of gamed the system and
12 gain unfair advantages in the marketplace.

13 So the committee believes that this already
14 occurs, particularly in cases where one corporation or
15 other entity has an ownership interest in multiple
16 regulated establishments. And there were multiple
17 examples that were discussed in the committee
18 throughout the last couple of days. Okay.

19 Lastly, question. Number seven. Are there
20 other sources of data besides the public health
21 information system that FSIS can use to better
22 identify establishment sizes and ownership structures.
23 Okay. So we came up with several points here.

24 Some sources of information may include
25 state controllers, the IRS, and potentially the

1 Department of Justice related to activities associated
2 with the Packers and Stockyards Act.

3 The committee believes that FSIS should use
4 all measures at their disposal to identify common
5 ownership interests across multiple regulated
6 establishments, including creating a working group
7 that includes legal and financial experts to further
8 explore strategies to obtain this information. Again,
9 with the objective of really classifying stand alone
10 operations for what they are.

11 FSIS should consider requiring the
12 disclosure of corporate ownership structure when a
13 facility applies for a grant of inspection, or when
14 the grant of inspection is updated, presumably on an
15 annual basis.

16 And lastly, FSIS should conduct outreach
17 with federal agencies and other stakeholders to
18 communicate the updated characterization of
19 establishment size, including both annual production
20 volume in pounds and business category, as detailed in
21 the committees response.

22 And this would be FSIS may be working
23 closely with other federal agencies, such as the SBA.
24 Right. So that they are better aware of what the FSIS
25 actually considers small, very small, whatever

1 categories they may come up with, as well as technical
2 assistance and membership by trade organizations and
3 commodity boards. Right. Where those membership may
4 -- membership prices may be based on the size
5 classification of the facility.

6 And with that, I will close. Open it up to
7 comments and questions from the larger committee. And
8 if there's anybody else in Subcommittee I that would
9 like to chime in and provide any classification,
10 please do so. Thank you very much. Casey, please,
11 please go ahead.

12 MS. GALLIMORE: Thank you very much.
13 Appreciate all the work the subcommittee did. Could
14 not agree more with your assessment on production
15 volume. I agree, I think that's a much better way to
16 assess establishment size, especially as you noted
17 when you're talking about direct inspection tasks
18 within the establishment, such as sampling. You know,
19 inspection tasks through PHIS.

20 I have some concerns about the
21 subcommittee's recommendation for business category
22 based on two things. One, just feasibility and
23 defining business categories in a way that will
24 actually be accurate, because ownership is not as
25 clear as we would like it to be.

1 For example, we have, you know, I've worked
2 for a company that was at 1.75 percent owned by a
3 company, and then it became 100 percent owned. And to
4 question three, the amount of support and resources
5 between being 75 percent owned and 100 percent owned
6 were very different.

7 And so I think there may be a
8 misunderstanding of how much support a entity receives
9 based solely off of ownership, and part of that may
10 depend on what that ownership is for. So it'd be
11 different if you have a big company that supports a
12 lot of meat and poultry, but if you have, you know, a
13 generic food company who decides they're going to
14 delve into the meat and poultry space, it may be a
15 really big company, but they don't actually have a lot
16 of support and resources that are meat specific.

17 And so I think there -- it may be very hard
18 to really gauge the amount of resources and support
19 that you're getting based solely off of ownership,
20 especially because, you know, do you categories two
21 percent ownership different than 98 percent
22 ownership, 48 percent ownership, like where do you
23 draw the line in ownership.

24 DR. CHAVES: Yeah. Hundred percent.
25 Thanks, thanks for your comment. We certainly

1 discussed those issues. Right. We discussed a little
2 bit what does it mean to own and what percentage of
3 ownership. I think that it comes down to a lot of the
4 disclosing. Right. Disclosing if this is a stand-
5 alone operation, if this belongs to a larger
6 conglomerate. And potentially what kinds of support
7 you can get from a parent company.

8 I understand that that may differ. I agree
9 with your example of having a new meat and poultry
10 operation maybe belonging to a larger company, but
11 they don't have the -- maybe the technical expertise,
12 but the technical expertise of the resources may be
13 different than the financial resources.

14 And so I understand that there's nuances
15 there. Anybody else in Subcommittee I that may want
16 to chime in?

17 DR. DILLON: Yeah. This is Dr. Dillon. We
18 did discuss some various aspects of this and part of
19 the reason that we advocated in one of our responses
20 there for FSIS looking at this issue, maybe with a
21 different working committee of experts to look at, you
22 know, the legal and financial pieces of this, are
23 because we know that there is nuance to this. We know
24 that it's not always straightforward.

25 You know, likewise, when one organization or

1 a company is owned in whole or in part by another
2 company that is in turn owned by another company, how
3 does that work. Is there a requirement to disclose
4 that.

5 You know, FSIS would have to look at some of
6 this, but we did overall believe that it was really
7 valuable information to know when an establishment was
8 individually owned. Particularly, when you're talking
9 about a small business. When an establishment is
10 maybe a part of a small group of establishments
11 sharing in whole or in part, some ownership. Or when
12 it's affiliated with a much larger organization.

13 We also talked about whether that larger
14 organization is based wholly in the continental -- or
15 in the United States, or whether that's a
16 multinational organization that those may be valuable
17 pieces of data. And we thought that was important to
18 capture here when we talk about some of the things
19 that establishment size classification is used for.

20 Certainly, regardless of whether any given
21 percentage of ownership is maintained by a larger
22 organization, it's up to that larger organization how
23 much support they want to offer to that small
24 business. And whether that has an impact, that
25 ownership in and of itself has an impact on that small

1 business' ability to access certain resources is
2 something for that larger business to consider.

3 But that's sort of an internal decision, I
4 think, no matter how big that ownership piece of the
5 pie is. If you have a large corporation that owns
6 five percent of a business and decides to devote
7 significant resources to making that business
8 successful.

9 Likewise, they could own a large percentage
10 and they're not on their own. That's a business
11 decision for that larger business to make. But we did
12 think that was -- that information was important to
13 capture.

14 DR. CHAVES: Thanks James.

15 MS. GALLIMORE: Were you primarily thinking
16 that information was important? So I look at the way
17 that FSIS currently uses their establishment size
18 categories and there's kind of like three buckets.
19 There's the inspection related stuff, which I think
20 you all answered perfectly on production volume. That
21 makes way more sense.

22 Then there's like the other bucket, the
23 second bucket, which I would categorize as like
24 implementation of new rulemaking. So they consider,
25 you know, will certain establishments or businesses

1 need more time to adapt to this new rule. So there's
2 like bucket number two.

3 It feels like you all are focusing a lot on
4 what I would consider like bucket number three, which
5 is grants, which I think that makes total sense when
6 trying to really better understand the business that's
7 supporting that establishment when you're determining
8 federal assistance.

9 And maybe consider that that information is
10 really only important to gather if you're applying for
11 a grant. It would be a little unnecessary to go try
12 and proactively get that information from every
13 establishment out there, when only a very small subset
14 are going to apply for grants and need additional
15 assistance.

16 DR. DILLON: I think you bring up an
17 interesting point with regards to bucket number two.
18 Right. When we talk about, you know, time to react to
19 things. And in many cases, if we're talking about
20 implementation of new rules, some of those may really
21 be pretty closely aligned with bucket number one, as
22 you put it, being an in-plant issue. Right.

23 And I think depending upon what they were
24 looking at, FSIS could make a determination about how
25 they're going to use that data, whether it was just

1 production volume in the establishment or whether it
2 was something that was appropriate to use some of that
3 other information for.

4 I think you do have a good point about, you
5 know, bucket number two there, so to speak. I do
6 think it would be beneficial to collect that data for
7 all establishments because, you know, some downstream
8 establishments may choose how they want to structure
9 their business and advertise their product based upon
10 where they obtain, you know, some of their product
11 from.

12 For instance, you know, small farm to table
13 restaurant may choose to utilize, you know, only
14 suppliers that are individually owned small businesses
15 within 50 miles of their restaurant, or something like
16 that. And I think that by obtaining that data, it's
17 only a net positive to informing the downstream
18 consumer, as well as any other organizations offering
19 assistance or anything like that.

20 More in the bucket three stuff, as you put
21 it. But I do think it would be a positive to gather
22 that information for all businesses.

23 DR. CHAVES: Thanks, James. And thanks
24 Casey. I have made a note of the comments so that we
25 can incorporate them into the report. Anybody else

1 that may have comments or questions about the results
2 of Subcommittee I on establishment sizes. Okay.
3 Well, hearing none, Katrina. I think I'll turn it
4 over to you and Subcommittee II.

5 MS. GREENE: Okay. Thank you, Dr. Chaves.
6 We will now begin the subcommittee report for
7 Technologies Impact on Inspection. Casey Gallimore
8 will provide the report for this subcommittee. I will
9 now turn it over to Casey Gallimore.

10 MS. GALLIMORE: Thank you. Could someone
11 turn on my permission to share? There we go. Thank
12 you. Okay. So there's definitely an echo.

13 So Subcommittee II was focused on ways
14 technology could enhance FSIS inspection activities.
15 Several of the charge questions under this, the
16 subcommittee were focused kind of on information
17 gathering of what is the normal for industry. And so
18 it's a little bit different than a normal NACMPI
19 charge.

20 So we did try and make sure to capture
21 information for FSIS' educational purposes, as it
22 seemed that was the goal of some of these questions,
23 as well as include specific recommendations. So
24 question number one, has industry successfully
25 implemented cameras, imaging, AI technology, to

1 identify defects, trends, hazards, or other regulatory
2 concerns.

3 And there was a lot of discussion about
4 current usage of the technology. And just a general
5 theme, industry is currently doing a lot of trials
6 which are ongoing. We talked a lot about camera video
7 applications.

8 That's one of the ones that industry has a
9 lot of prior history with, originally intended as
10 security cameras. Those have kind of grown beyond
11 that use for overseeing processes, investigating after
12 an incident.

13 Some are using it specifically for CCP
14 monitoring, although the subcommittee does not
15 recommend using only video monitoring for CCP
16 monitoring, because of potential failures. But
17 there's been a lot of good uses of video footage.
18 Industry has also long utilized a variety of sensors,
19 such as pH, temperature, a lot of temperature sensors
20 for cooking, cooling, storage, et cetera.

21 Sensors for traceability, HACCP monitoring,
22 and then on both of those, the remote access has been
23 very helpful for industry to be able to kind of watch
24 over processes away from the facility. So the video
25 technology kind of breaks into a couple of different

1 categories.

2 There is a fairly long history of using just
3 kind of camera-based systems both for internal and
4 external auditing, either the company using cameras,
5 and you know, just reviewing them as needed or
6 monitoring them on a set frequency internally, as well
7 as third party camera-based systems where a third
8 party is doing auditing on that film.

9 There are currently in development a couple
10 of different AI integrated video monitoring systems.
11 It's still very early in the adoption stages by
12 industry. Pretty -- more of a testing kind of phase
13 than widespread usage at this time.

14 Some of the value in the camera-based
15 systems have been the ability to send photos and
16 videos to FSIS for either, like remote and antemortem
17 inspection, or some other consultation to help
18 expedite decision making, as well as reviewing video
19 footage when an incident occurs, or when there are
20 questions.

21 And then just outside of FSIS activities,
22 camera footage has proven useful for business
23 relationships and other uses. There were specific --
24 FSIS specifically asked about vision systems such as
25 hyperspectral imaging. A lot of the use as it relates

1 to food safety, has been on foreign material with
2 those systems. And they can be independent or have an
3 AI integration.

4 Imaging has also been used for things like
5 label verification, quality measures, such as fat
6 content, and verifying truck seals, and other kind of
7 security.

8 Talked a little bit about detection systems
9 since there seems to be a lot of interest around, you
10 know, vision systems as a potential detection system.
11 Any detection system that you're using, whether it's,
12 you know, camera, or vision, or metal detector, or X-
13 ray is -- has to work in congress with a rejection
14 device.

15 And so I think sometimes that is
16 misunderstood. So detection and rejection systems
17 both have to be fit for purpose. I think there has
18 been a lot of development lately understanding that
19 most equipment, whether it's imaging systems, metal
20 detectors, are generally not just purchased off the
21 shelf. Most of them are specifically designed for
22 that establishment for that process.

23 And then there's a lot of technology
24 development around operational and maintenance
25 integration. So all of this different technology

1 that's being used now, how you get information from
2 that technology on downtime, runtime, functionality,
3 and integrating those systems.

4 Baseline where industry is at, which was
5 kind of question number one. Question number two
6 talks about suggestions for FSIS to leverage existing
7 technology for domestic import and export inspection.
8 So we recommended that FSIS evaluate sensors to aid in
9 import and export inspections, specifically, such as
10 temperature monitoring, or GPS locators.

11 And also, the FSIS utilized digital
12 paperwork. We'll talk about this a couple different
13 times throughout the questions, but the idea was
14 floated for FSIS develop, essentially, some form of
15 PHS app for a tablet or phone, so that inspectors
16 could directly conduct inspections and sign off on
17 certificates, and things like that, in real time
18 versus having to go back to their computer.

19 That's going to have to come with an
20 assessment of what makes sense and is prioritized for
21 being done in real time, and what can be noted later.
22 And then consider integrations with speech to text.
23 We were not sure of the technical terms to use, but
24 the technology where you're able to write on a device
25 and it will transfer into digital records. That might

1 help with comfortability of inspection staff with
2 using some of these technologies.

3 Question three is another kind of industry
4 focused question at first, and then turns into an FSIS
5 focus, so what challenges does industry face when
6 adopting advanced technology. And are there any FSIS
7 regulations or policies that are an obstacle to
8 innovation.

9 So industry has a lot of obstacles, cost,
10 time, skills, to both implement, monitor, and then
11 maintain that technology. Some plants are held to
12 physical space restraints. Processing conditions are
13 not necessarily great for a lot of technology. We
14 have wet, cold, hot, environments that go through full
15 sanitation cycles.

16 And there's a lot of concerns with
17 cybersecurity risk. Every time you have a connection
18 at an operational technology, it's another vector that
19 has to be managed. And then there is -- are some
20 specific obstacles around AI. There's still a general
21 lack of trust in AI. It's very new in some areas, and
22 it's very dependent on how the system is going to
23 integrate with company data and data ownership.

24 And I know there's concerns from industry
25 that we talked about, where, you know, is the data,

1 does the data have to integrate with an off-site AI.
2 Is that data getting sent off site, and how does the
3 company deal with confidentiality and security.

4 And then the complicating factor that AI is
5 only as good as the information that's going into it.
6 So there are still areas where I say AI is very -- AI
7 as a technology is not new, but it's new in this
8 arena. There's still development where more data is
9 really needed for that AI to be successful in
10 different applications.

11 And we were told not to talk about internet
12 or hardware issues, but we couldn't help ourselves
13 because internet accessibility is still such an
14 important aspect of any kind of advanced technology.
15 And it's still a huge obstacle for a lot of industry.

16 And I think one thing, it's always kind of
17 talked about in this sense of it's a complication for
18 small facilities or small businesses, which can be
19 true, but it's really more about remote locations.

20 So even if it's not a small facility or a
21 small business, let's say a larger company has a very
22 remote facility, it may be very difficult to get
23 internet access for that facility.

24 The second part of this is about FSIS
25 regulations. The subcommittee kind of had a hard time

1 identifying an actual regulation or policy that exists
2 that is inhibiting innovation. FSIS regulations are
3 generally open for innovation on paper, but really
4 it's more of the either real or perceived fear of
5 misunderstanding by FSIS, both locally and up through
6 the chain.

7 So industry kind of is living under this
8 fear that innovation will be used against the
9 establishment. Whether that's just because it's used
10 out of context, or because it encourages more
11 scrutiny.

12 So we talked about if, you know, an
13 establishment, if two similar establishments are
14 using, you know, with similar production, similar
15 maturity, but one of them is using video monitoring
16 and the other ones not. There is at least a perceived
17 fear that that one using video monitoring is going to
18 get a lot more scrutiny from FSIS because they're
19 going to want a lot of access to that video.

20 So our recommendation is that FSIS kind of
21 look at the following lists of issues and concerns and
22 develop training materials, guidance, for FSIS
23 employees, really at all levels, not just field level
24 to kind of remove this real or perceived barrier.

25 Again, there's lack of clarity and

1 consistency on what level of access inspection staff
2 should have. So if you're using something like video
3 monitoring, are inspection -- inspectors able to look
4 at that video monitoring anytime they want. How can
5 they look at it. What are the barriers to that.

6 And making sure that's consistent so that we
7 don't have any unintended consequences where, you
8 know, we've kind of made it an unfair marketplace.
9 And then you have a lot of inconsistent
10 interpretations of not only like the technology that's
11 being used, but the results and the data that come
12 from that technology.

13 So our recommendation is that FSIS provide
14 inspection personnel with a centralized resource to
15 address questions, not just ask FSIS. But ideally
16 would be dedicated staff that are more well versed in
17 technology, and the results and data that come from
18 that technology that inspection staff can lean on.

19 This is just kind of one of those issues we
20 want them to consider in developing training
21 materials, is that anytime you integrate innovative
22 technology into your HACCP system, it definitely opens
23 up enhanced scrutiny just because of the way that the
24 HACCP regs are written.

25 Again, we don't think they're written in a

1 bad way, it just -- it definitely highlights those for
2 scrutiny. And there are security concerns. So part
3 of the, you know, how -- what level of access does
4 FSIS have are based on security concerns with either
5 patented technology or confidential information that's
6 gained through that technology.

7 And so, overall we need better cooperation
8 and flexibility, especially locally, but not just
9 locally. When we're testing new technology and need
10 to help foster a culture of adapting to change and
11 innovation as a partnership between industry and
12 agency.

13 The third part of this question specifically
14 asked what changes would maintain an equivalent or
15 better level of food safety. Again, we don't think
16 that the HACCP rule and existing regulations are a
17 barrier to innovation.

18 And so in the context of the charge to the
19 committee, and we really kind of struggled with
20 answering that question, there's a lot of automation
21 and innovation that maybe -- that would definitely
22 maintain food safety, if not, improve it. But in the
23 context of the charge, I think it was more focused on
24 whether or not there are barriers to it.

25 Question number four, what are current

1 inefficiencies or issues that could be addressed by
2 leveraging technology. This one is focused more back
3 on FSIS activities. So the baseline kind of
4 recommendation that the subcommittee had would be to
5 make sure that FSIS inspection staff have access to
6 phone or tablets.

7 Historically, inspectors used to have, not
8 all, but many inspectors used to have government
9 issued phones and that kind of went away. And there
10 has been a break in the ability to communicate. And
11 there is also newer technology that those phones and
12 tablets could help better communicate with the
13 regulated establishments, as well as do their jobs.

14 So if this were to happen and inspectors
15 would have phones or tablets, it would obviously need
16 to have a secure connection. Again, touch back on
17 that idea for like an application for PHIS or
18 something similar that would allow secure file
19 sending.

20 And then again, allow the inspection
21 personnel to review and complete tasks, write NR's,
22 and things like that, on the spot when they're out in
23 the establishment versus having to take notes and
24 transfer that back to the computer.

25 We talked about especially for inspectors

1 that are overseeing multiple locations, they may have
2 to go to two or three locations and drive several
3 hours before they actually get back to a computer,
4 where they can then transfer all of that in.

5 That's asking a lot. It's inefficient and
6 you may lose some information along that route. So it
7 would also be great if inspectors had the ability to
8 take a photo and attach that to a task or a non
9 compliance. Again, just to kind of better notate
10 their observations.

11 The subcommittee talked about how FSIS has
12 historically seemed to have a very high expectation
13 for written communication that's formal. A lot of
14 times an email. But if they would allow for more --
15 for other types of communications, such as phone
16 calls, video chat, situations could move along more
17 quickly.

18 The subcommittee talked about the balance
19 between accurate information and having a record, so
20 that there is benefits for that from email. But if
21 there is an emergency situation or, you know, things
22 like that, situations could definitely be dealt with
23 quicker with phone calls, video chats, et cetera.

24 The idea was discussed to develop some kind
25 of push notification for PHIS so that inspectors are

1 alerted if they're not standing, or they don't happen
2 to be at their computer. This could be for inspection
3 tasks as well as export signoffs.

4 Right now, our understanding of how PHIS
5 works through the inspector, there's no proactive
6 messaging to that inspector to know that something's
7 waiting for them. So if the establishment has an
8 export certificate that's ready to go, a lot of the
9 times the establishment has to then go try and track
10 down the inspector to let them know it's waiting in
11 PHIS. Whereas if there was a notification that could
12 be sent directly, that could save a lot of time.

13 And there was a lot of discussion around
14 remote inspections. So the subcommittee recommends
15 FSIS allow for remote inspections for certain
16 circumstance, such as -- here are some examples that
17 could be reviewed for additional opportunities.

18 We talked about if a slaughter inspector
19 could use, again, that secure video connection,
20 pictures, some way to securely send files or video
21 chat, to make remote dispositions for both antemortem
22 and postmortem inspection.

23 So in this scenario maybe you have a roaming
24 vet, or you know, I know there's a lot of inspection
25 staffing concerns right now and a vet shortage. So

1 this could kind of maybe help deal with some of those
2 issues.

3 Again, through a secure video connection,
4 could help with export and import verifications and
5 reviewing labels, and things like that if the
6 establishment were able to just kind of video chat
7 with an inspector, and let them see anything they
8 needed to see, review the load, labels, to more
9 efficiently conduct some of those inspections.

10 As well as we talked about reviewing
11 corrective actions to release product or an area after
12 an incident. So especially, again, when you've got an
13 inspector that has multiple establishments that
14 they're overseeing, they may be at another
15 establishment rather than waiting several hours or the
16 next day when the inspector can come back to that
17 first establishment. If we were able to video chat,
18 or send video evidence, or photo evidence, for proof
19 of corrective actions, then product and areas might be
20 able to get released quicker.

21 We also talked about how there's a lot of
22 other entities that are looking into technology and
23 options. And FSIS could learn from them. So we
24 recommended the FSIS meet with AMS.

25 There's a couple things they are doing right

1 now that could provide important learnings for FSIS,
2 such as their camera grading system, which they've
3 been doing for quite a while. Is there an application
4 of that camera or something like that that could be
5 utilized for food safety purposes, as well as AMS'
6 remote grading pilot. Are there any lessons from that
7 that could be applied to remote inspections that we
8 just went over.

9 And then, you know, we recommend looking
10 into technology, the converting handwriting
11 technology. Obviously that would be something that
12 would be great for industry, but also for FSIS
13 personnel. And then we recommend they evaluate better
14 options for controlling documents, stamps, inspection
15 materials.

16 Right now, like for example, inspection
17 stamps are typically under lock and key at the
18 regulated establishment. But if you have a relief
19 inspector, they have to somehow get that key from the
20 person who -- the regular inspector, and it can be a
21 little clunky sometimes.

22 Question number five was one again more
23 focused on industry. What would industry need to go
24 paperless. Generally speaking, there's a great --
25 greater adoption of paperless industrywide, not just

1 large companies. There's actually quite a few small
2 companies that are doing it, though there are still
3 definitely obstacles.

4 Most of them administrative-wise, cost,
5 resources, skill set. You have to back up your data,
6 cybersecurity. And then there's specific to FSIS
7 complications.

8 You have to figure out a way to get data to
9 FSIS, which is kind of an ongoing administrative
10 burden. And do that in such a way that FSIS gets all
11 the records that they need in a timely fashion to do
12 their inspection activities, but while maintaining
13 confidentiality.

14 We talked about even if companies go
15 paperless, most of the time you're going to need a
16 paper-based backup system for when things go wrong,
17 because hardware and software fail. And there are
18 cyber security incidents.

19 Companies also need cooperation from local
20 FSIS when they go digital. So there is a need for
21 FSIS to adapt. We've heard -- the subcommittee talked
22 about situations where plants had FSIS inspectors
23 still request paper records, so they were still just
24 having to print the electronic records for FSIS, so
25 they had a paper record rather than FSIS local

1 inspection adapting to the digital records.

2 So we recommend that FSIS provide training
3 and guidance to both industry and inspection personnel
4 on their expectations for digital record keeping so
5 that there are clear and consistent expectations for
6 both parties.

7 And then we just wanted to note, there is
8 some utilization in industry of still having a paper
9 record but digitizing that paper record afterwards for
10 storage and reference.

11 Question number six, what programs or
12 records are not possible to be paperless. You know,
13 obviously, we just talked about a lot of limiting
14 factors to going paperless outside of that. The
15 subcommittee recognized that most programs and records
16 could easily go paperless if you had unlimited time
17 and money and things.

18 However, we did identify that both FSIS and
19 industry hold tags should not be entirely replaced by
20 digital holds or digital controls. Right now,
21 industry often uses multiple controls, such as, you
22 know, like a digital hold and an inventory system, and
23 a visual hold with tape and tag. Physical holds, such
24 as tape and tag, are still paramount so that you have
25 that visual cue for employees.

1 And then we also just wanted to note there
2 are some circumstances that the subcommittee was aware
3 of with ADA guidelines for accessibility. So both
4 FSIS and industry would still need to be flexible and
5 comply with any ADA needs for accessibility if paper
6 was required.

7 Question seven was about how industry is
8 utilizing digital inventory tracking for product
9 distribution. The subcommittee wanted to make very
10 clear that digital and paperless inventory tracking
11 don't magically make inventory tracking go well. You
12 have to be able to do it on paper before you can
13 really successfully do it digitally.

14 So programs have to be based on very good
15 processes first. You can still accurately track
16 product on paper, though it is cumbersome and it's
17 really not that easy to manage in a recall scenario
18 which is why a lot of industry has moved towards some
19 semblance of digital inventory.

20 The vast majority of the meat and poultry
21 industry has adopted barcoding, typically utilizing
22 the GS1 standards. We talked about how even if
23 there's like maybe some establishments that aren't
24 doing receiving, barcoded receiving, they are
25 typically doing barcoded shipping for the products

1 they produce.

2 So we've generally found that traceability
3 within the regulated industry is typically very tight.
4 When we say regulated industry, we mean packers and
5 processors. We find that traceability tends to break
6 down further downstream at further distribution, such
7 as retail foodservice distribution.

8 The question specifically asks about
9 blockchain. We already talked about barcodes, QR
10 codes, so there has not been a wide adoption of
11 blockchain due to data security and confidentiality
12 concerns, as well as blockchain really only works if
13 everyone in the supply chain is involved. And that's
14 just been a very big hurdle.

15 QR codes have primarily been retail facing
16 for marketing purposes at this time, have not
17 generally been used for inventory tracking. We talked
18 about traceability in general.

19 A lot of companies are held to either
20 customer or audit requirements for traceability, and
21 there's a lot of industry best practices with
22 traceability along those same lines, such as regular
23 traceability exercises, both tracing forwards,
24 backwards, all ingredients, packaging, et cetera. As
25 well as setting some kind of requirement on

1 effectiveness and timeliness of conducting those trace
2 backs.

3 There are mature operations out there.
4 They're utilizing very sophisticated tracking, both
5 entry, exit, and internally. Throughout processes and
6 internal storage. Some of that's even automated. And
7 so FSIS didn't specifically ask for any
8 recommendations on this inventory question, but the
9 subcommittee had some thoughts that it might be good
10 for FSIS to meet with FDA on traceability.

11 FDA recently had a call to industry to learn
12 more about technology that industry is learning -- or
13 utilizing on traceability. So there may be some
14 learnings that FSIS can gain from that. As well as
15 there may be learnings the FDA could learn from FSIS'
16 history of tracebacks, recall effectiveness checks,
17 and recall successes.

18 And then specific to or FDA's traceability
19 rule as part of FISMA, there was a recommendation that
20 there would be collaboration between FDA and FSIS
21 because some companies, distributors will be subject
22 to both the kind of historical recall requirements
23 from FSIS, and now the traceability requirements from
24 FDA. And how do those differ, how do they work
25 together, how will entities comply with both.

1 And then there was an idea to seek further
2 engagement, maybe as a collaborative effort with FDA,
3 on traceability, to engage with not only the regulated
4 industry of packers and processors, but also
5 technology providers, distributors, retailers, maybe
6 in some form of like a round table or something to
7 kind of better understand the whole world of
8 traceability and opportunities there.

9 And then the last question for the
10 subcommittee was, are there any FSIS forms or record
11 keeping activities that industry finds repetitive or
12 unnecessary. We talked about communication issues
13 with TA plants.

14 And our recommendation there would be for
15 FSIS to define a clear communication pathway. And
16 provide that clarity to all the parties once it's been
17 defined so that there's -- right now there's some
18 redundancy with communicating directly with the TA,
19 you know, state provide an inspector and then also
20 having to have the same communications of the chain
21 with FSIS.

22 We talked about how PHIS issues tasks to
23 both shifts for multi shift operations and recommended
24 streamlining that process so that you don't have
25 redundancy of tasks between multiple shifts, such as

1 reviewing the same HACCP plan, when it's the same
2 HACCP plan that's used for first shift as it is for
3 second shift.

4 When accessing records, sometimes there are
5 requests for older records that are not as readily
6 available. We recommend that FSIS clarifies IPP that
7 establishments have 24 hours to pull those older
8 records. They should not necessarily be expected to
9 be available immediately.

10 We talked before about this idea of an
11 application to connect with the PHIS. It was
12 recommended that a notification within PHIS be set up
13 so that inspectors know when NR's are open. Right now
14 PHIS, we don't believe at least, notifies inspectors
15 when there are NR's that are open. They have to be
16 closed by inspection personnel, or else they look like
17 they have not been responded or resolved.

18 418.2 notifications, as well as 8140
19 notifications, which are related. The subcommittee
20 talked about how those are really unnecessary when
21 reporting between federally inspected establishments.

22 There are existing supply chain controls in
23 place, so the recommendation is for the agency to
24 focus its resources on incidents that may result in
25 product reaching consumers by defining in commerce as

1 outside of the regulated supply chain and potentially
2 accessible to consumers.

3 And then last, and this may actually help
4 with some of the information that Subcommittee I was
5 talking about as far as business category information,
6 but it was recommended for FSIS to develop a module
7 within PHIS to maintain and update grant of inspection
8 information.

9 Right now it's fairly cumbersome to
10 recommend -- update your grant of an inspection, and
11 it has to be done through the grant curator's office.
12 But if you're updating something simple like change in
13 leadership or doing business as name, if that were
14 able to be done within PHIS by the company and then
15 verified by FSIS, that might be a much more efficient
16 process.

17 And that is a lot, but that is it. There's
18 a -- I welcome any feedback from my fellow
19 subcommittee members, if there's anything that I
20 missed, or didn't characterize correctly, as well as
21 any questions from the rest of the committee.

22 DR. DILLON: Hi. This is Dr. James Dillon.
23 I had a thing I noticed here. I was really happy to
24 hear you look at the remote grading system from AMS.
25 I think that there may be some also potential to

1 utilize AI, and some things like that I would suppose,
2 I'm not an expert in this field, but I would suppose
3 that an AI would do really good at taking a pixel by
4 pixel look at a photograph to utilize for grading, and
5 might do a really good job of doing that really,
6 really quickly at a really, really low cost, which may
7 decrease, you know, costs to an establishment of any
8 size and may bring grading services much more within
9 the reach of very small establishments.

10 I think some interesting things that maybe
11 could go a step further with that would be possible
12 link between some of that data with animal ID systems,
13 such that if we could obtain, you know, grade data,
14 quality data, yield grade data, and associate that
15 with an individual animal ID, that might be very
16 useful to a producer to trace forward their, you know,
17 their animals that that they produced to get that
18 data. Particularly if they're not the ones that are
19 immediately selling that data -- or selling that
20 animal for slaughter.

21 They, if there's an intermediary there, they
22 may not get that data, but if it was easy to associate
23 some of those things with animal ID, that might also
24 provide an incentive for them to participate in animal
25 ID and get some really good data back from that.

1 MS. GALLIMORE: Yeah. And maybe that's an
2 opportunity to also bring in AFIS with their
3 rulemaking on our ID tags for cattle. I will say that
4 I completely agree with you.

5 However, some of that is a little out of
6 scope for this committee since it would be under AMS
7 jurisdiction. But I definitely welcome the
8 opportunity to maybe talk with AMS about that as well.

9 Okay, if there are no other questions or
10 comments, I will yield back to Katrina. Thank you
11 all.

12 MS. GREENE: Okay. Thank you, Dr. Chavez
13 and Ms. Gallimore. The committee will now attempt to
14 adopt the establishment size definitions report by
15 acclamation. If this fails, we will proceed directly
16 to a roll call vote. Is there a motion to adopt the
17 Subcommittee I report on Establishment Size
18 Definition?

19 DR. DILLON: Motion made.

20 MS. GREENE: Okay. Who made the motion,
21 please state your name.

22 DR. DILLON: Dr. James Dillon.

23 MS. GREENE: Okay. Is there a second?

24 DR. CHAVES: I second. This is
25 Byron Chaves.

1 MS. GREENE: Okay. All in favor of adopting
2 the report on establishment size definitions signify
3 in the affirmation.

4 ALL: Aye.

5 MS. GREENE: Okay. I see some hands raised.
6 I don't know if that is signifying the affirmative or
7 if you have any questions.

8 DR. CHAVES: I think it's the affirmative.

9 MS. GREENE: Okay. Anyone opposed to
10 adopting the report on Establishment Size Definitions,
11 signify by saying no. Hearing none, the report on
12 Establishment Size Definitions has now been adopted by
13 the NACMPI committee, pending finalization from the
14 Under Secretary and NACMPI chair.

15 Thank you again, Dr. Chaves and Ms.
16 Gallimore. Please email your reports to the NACMPI
17 mailbox that is NACMPI@usda.gov and copy me on that
18 email.

19 The final subcommittee reports will be made
20 available at the FSIS website at fsis.usda.gov and
21 that will be upon finalization.

22 Now the committee will attempt to adopt the
23 Technologies Impact on Inspection report by
24 acclamation. If this fails, we will proceed directly
25 to a roll call vote. Is there a motion to adopt these

1 Subcommittee II report entitled Technologies Impact on
2 Inspection?

3 MR. WILLIAMS: So moved, Byron Williams,
4 Mississippi State University.

5 MS. WINELAND: I second. Desire Wineland.

6 MS. GREENE: Okay. All in favor of adopting
7 the report entitled Technologies Impact on Inspection,
8 signify in the affirmative.

9 ALL: Aye.

10 MS. GREENE: Okay. Anyone opposed to
11 adopting the report on Technologies Impact on
12 Inspection, signify by saying no. Hearing none, the
13 report on Technologies Impact on Inspection has now
14 been adopted by NACMPI committee, pending finalization
15 from the Under Secretary and Chair of NACMPI.

16 Okay. This now brings us to the end of the
17 committee's work for today. Now I will turn the
18 meeting over to our Chief Operating Officer,
19 Todd Reed, for closing remarks. After he concludes
20 the closing remarks, then I will have some closing
21 comments.

22 MR. REED: All right. Well, thank you very
23 much, and hello everyone. I'm Todd Reed, the Chief
24 Operating Officer at FSIS. Dr. Esteban got called
25 away to an urgent meeting and he asked me to say a few

1 words to you all.

2 First, I want to thank the committee members
3 for your input and recommendations on both charges
4 during this year's meeting. I want to take a moment
5 to thank you for your dedication. Your work has a
6 significant impact on our food safety mission and on
7 our inspection program.

8 For Subcommittee I, on updating size
9 classifications for official establishments, I
10 appreciate the feedback that we don't have enough size
11 categories. As a data person by training, I
12 completely agree with that assessment, and I know
13 we're going to look into it.

14 On the guidance on metrics, in addition to
15 your recommendation to use product volume, you know,
16 specifically of FSIS inspected products per year from
17 the previous year, I appreciate the guidance on how to
18 deal with new establishments and large changes,
19 because those kind of things always come up.

20 It's good to know that you recommend only
21 one size per establishment. And you really gave us a
22 lot to think about regarding the firm size
23 classifications. You know, both on the report as well
24 as the discussion that came out afterwards.

25 For Subcommittee II, on ways technology

1 could enhance FSIS' inspection activities, you really
2 reinforced how much technology industry is using.
3 It's good to know and see that FSIS regulations are
4 not an identified problem. And we'll definitely
5 consider your recommendations that you made for
6 removing, you know, any real or perceived barriers.

7 And I honestly appreciate that language of
8 real or perceived. I think that's important to
9 understand. We'll look at all the potential ways that
10 you mentioned that FSIS might leverage technology. I
11 mean, not only can make it more efficient for our sake
12 but can make us more efficient and helpful to industry
13 as well and consumers. And so we'll look into those.

14 And you gave us a lot of other specific
15 recommendations on the different questions that I'm
16 not going to take time to repeat because they were so
17 thorough and specific.

18 I know this has been a really busy couple of
19 days. There's been great discussion, and the agency
20 will carefully consider the committees recommendations
21 in the coming months. And we look forward to identify
22 solutions and reporting back on the progress.

23 So again, thank you all and I hope you have
24 a great day. Back to you, Katrina.

25 MS. GREENE: Thank you. Okay. This

1 concludes the 2024 NACMPI meeting. I'd like to thank
2 the NACMPI members, the commitment to the work of this
3 committee over the last two days.

4 Also thank you to the public for your
5 contributions. And lastly, thank you to our FSIS
6 staff presenters, subject matter experts, and other
7 staff for your efforts and assistance in supporting
8 NACMPI.

9 Have a great evening everyone. Thank you
10 very much.

11 (Meeting concluded.)
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

This is to certify that the attached proceedings
in the matter of:

NATIONAL ADVISORY COMMITTEE ON

MEAT AND POULTRY INSPECTION

PLENARY SESSION

Virtual Meeting

September 17, 2024

were held as herein appears, and that this is the
original transcription thereof for the files of the
United States Department of Agriculture, Food Safety
and Inspection Service.

A handwritten signature in cursive script that reads "Tom Bowman". The signature is written in dark ink and is positioned above a horizontal line.

Tom Bowman, Reporter

FREE STATE REPORTING, INC.